

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

HVDC TRANSMISSION FOR RURAL ALASKA
STAKEHOLDERS' ADVISORY GROUP FIRST MEETING
April 27, 2010
Fairbanks, Alaska

TRANSCRIPT OF PROCEEDINGS

Marriott Springhill Suites
April 27, 2010
3:30 o'clock p.m.

APPEARANCES: Ms. Denali Daniels
 Mr. Joel Groves
 Mr. Jason Meyer
 Mr. Earle Ausman

COPY

1 P R O C E E D I N G S

2 (On record)

3 MS. DENALI DANIELS: Well, welcome everyone. My
4 name is Denali Daniels, and I think I've met most of you, but
5 anyone I haven't met, yes, it's true, I work at the Denali
6 Commission; I manage the Energy Program.

7 And I would like to thank everyone for coming
8 together today for the first of three Stakeholder Advisory
9 Group meetings around the HVDC project that the Denali
10 Commission has funded, now currently in Phase II.

11 And so for folks online, we're getting a little
12 bit of feedback. If you could go ahead and press mute from
13 your end, that would be very helpful. Thank you.

14 I'm going to go ahead and start off with
15 introductions, and then we'll get into a little bit of detail
16 on what the group is tasked with doing.

17 Again, I'm Denali Daniels; I'm with the Energy
18 Program. I'll be chairing this group. And if you could,
19 we'll go around the room and ask everyone to introduce
20 yourselves. If you are on the committee, please state so. If
21 you are representing a delegate to the committee or if you're
22 a member of the public, that would be good to know.

23 So we'll go ahead and start with you.

24 MR. INGEMAR MATHIASSEN: Ingemar Mathiasson,
25 Northwest Arctic Borough. I guess we are on the committee.

1 MS. DENALI DANIELS: Committee member, very
2 good.

3 MR. JERALD BROWN: Jerald Brown, Bering Strait's
4 Native Corporation, on the committee.

5 MR. MIKE WRIGHT: Mike Wright with Golden Valley
6 Electric. I think I'm on the committee since Brian is not
7 going to do it, so I am.

8 MS. DENALI DANIELS: Okay.

9 MR. MITCH ERICKSON: Mitch Erickson, Nome
10 Chamber of Commerce and on the committee.

11 MS. LESLIE WALLS: My name is Leslie Walls, I'm
12 with the University of Alaska. I am the grant manager for
13 this program, and I'm just here to hear about the program.

14 MR. BRENT PETRIE: Brent Petrie with Alaska
15 Village Electric Co-op. I'm here on behalf of Meera.

16 MR. ERIC MARCHEGIANI: My name is Eric
17 Marchegiani; I work for USDA. I'm on the committee, and I'm
18 also on the Energy Advisory Committee for the Commission.

19 MR. JASON MEYER: Jason Meyer with the Alaska
20 Center for Energy & Power. We're managing this project on
21 behalf of the Denali Commission.

22 MR. JOEL GROVES: And Joel Groves with
23 Polarconsult Alaska. Polarconsult is the contractor doing the
24 work for Phase II, and I'm the project manager with
25 Polarconsult.

1 MR. EARLE AUSMAN: Earle Ausman, Polarconsult.

2 MR. KENT GRINAGE: Kent Grinage, North Slope
3 Borough. I don't know if I'm on the committee or not.

4 MR. JOEL GROVES: I believe you are, Ken. I
5 believe you are, yeah. Come on down.

6 MS. GWEN HOLDMAN: I'm Gwen Holdman. I'm the
7 director of the Alaska Center for Energy & Power. I'm just
8 here to learn a little bit more about what's going on, and
9 I'll set down my phone now.

10 MR. KIRK HARDCASTLE: Kirk Hardcastle, Alaska
11 Center for Energy & Power out of Juneau, Alaska.

12 MR. AL NAGEL: Al Nagel, State of Alaska
13 Department of Labor Workforce Development. And Jason invited
14 us since we're going to have some effect on State statutes and
15 regulations.

16 MR. JASON MEYER: Al, please feel free to join
17 us at the table if you'd like.

18 MR. DANIEL GREINER: Daniel Greiner, State
19 electrical inspector for the Department of Labor here in
20 Fairbanks.

21 MS. DENALI DANIELS: Okay. So this is a
22 committee member here now? Okay. We're going to try and
23 manage the discussion. So please make sure and pipe in as a
24 committee member.

25 Again, thank you, and then, I guess, let's go

1 ahead and turn it to the teleconference. I believe we have
2 two people on line.

3 MR. TOM LOVAS: Well, one, Tom Lovas, Energy &
4 Resource Economics, and I believe I'm on the committee.

5 MS. DENALI DANIELS: I believe you are too.
6 Welcome, Tom.

7 MR. TOM LOVAS: Thank you.

8 MS. DENALI DANIELS: And then we have a
9 gentleman from MEA?

10 MR. PRIZIKAM MINGARAJ: Prizikam Mingaraj, and
11 I'm on the committee.

12 MS. DENALI DANIELS: Okay. Welcome. Thank you
13 for joining us. Okay. So what I'd also like to draw your
14 attention to next on the agenda is a discussion just about the
15 charge to the Stakeholder Advisory Group.

16 In terms of just a bit of background, we're
17 going to be getting a presentation from Polarconsult about
18 where we've been, where we are today, and then we'll have a
19 bit of a discussion about the role of this group in that
20 process.

21 This document that I draw your attention to, I
22 think Jason passed it out, or did you?

23 MR. JASON MEYER: No, I had planned to.

24 MS. DENALI DANIELS: Oh, okay. I'm going to go
25 ahead and pass a couple stacks around. This is a charge to

1 the group, and this is attached to the original invite that
2 went out to everyone.

3 MR. JASON MEYER: I'm not sure if this was.
4 Basically, this is just the more technical document outlining
5 the policies and procedures of the Stakeholder Advisory Group.

6 A lot of the details of this document will just
7 be covered throughout the meeting today, but more just for
8 your reference, just more structural pertaining to the
9 committee. For those online, I'll email one out shortly after
10 the presentation here.

11 MS. DENALI DANIELS: So the document that's
12 going around is really, as Jason mentioned, hopefully a good,
13 brief summary of what the role and responsibility of this
14 group is. It is an advisory group, and the Denali Commission,
15 as the funder, will remain kind of in a chairmanship role with
16 the advisory group.

17 Our relationship is directly with the Alaska
18 Center for Energy & Power as our grantee. And, in turn, the
19 Alaska Center for Energy & Power is fulfilling two functions;
20 number one, they are overseeing the contractual relationship
21 with Polarconsult; and, number, two they are conducting data
22 collection and reporting independent of the contract.

23 And so I think we're all feeling very good about
24 the manner in which the process has been structured. And as
25 part of the process, it was agreed that we would transition

1 into this new role that I just described.

2 We previously had a grant with AVEC, and AVEC
3 had kind of a similar relationship with Polarconsult. And we
4 decided that having a stakeholder advisory group would --
5 would hopefully prove to be a good way to transition from the
6 AVEC relationship over to the ACEP relationship.

7 This also dovetails the Denali Commission's
8 involvement with the Emerging Technologies Program, and the
9 HVDC actually predates that initiative coming to fruition;
10 however, I think it's a good example of opportunities that the
11 Denali Commission and the State and the University and others
12 are interested in pursuing. And so I think we can look to
13 this project as an example of other things that we'd like to
14 see under the emerging technologies program.

15 This committee is intended to be an independent,
16 really second set of eyes or third set of eyes on not only the
17 process, but also on the technology and the lessons that were
18 learned throughout this process.

19 And so one of the things that we all know about
20 research is that the more independent we can be, the better
21 everyone is going to be off in the long run, and certainly
22 it's helpful for someone in the role of Polarconsult to have
23 that validity maintained through some independent review
24 process.

25 And so that's really the main goal of this group

1 is to provide oversight recommendations in an advisory
2 capacity to Denali Commission, and, in turn, to ACEP and on to
3 Polarconsult.

4 And what we're trying to accomplish is sort of
5 that arm's length between this group and Polarconsult as a way
6 to ensure that integrity of the process, the research project
7 itself and really gain from the expertise of the folks that
8 are represented in this group.

9 So with that in mind, we're proposing two
10 functions over the next year and a half for the Stakeholder
11 Advisory Group. One, we are proposing three meetings, this
12 being the first, where we can hear the progress of the
13 project, ask questions, provide feedback and so forth; and
14 then, secondly, between meetings, we are hoping to have
15 milestones that are reached. And those milestones may be
16 communicated to the Stakeholder Advisory Group requesting
17 feedback.

18 And so it's my understanding that we'll have
19 kind of a communication mechanism that's in place and that the
20 University is going to be putting together a ListServ for
21 folks to use as a way to communicate. And so I think when we
22 talk about communications, I want to encourage folks to engage
23 as much as you can about this technology and the progress of
24 the project.

25 There are some policy issues that we may ask for

1 feedback on as well, and that, as well, is something that we
2 need to maintain the integrity of the contractor's role in
3 policy development, and those are things and functions that
4 the Denali Commission or others may be more appropriate to
5 take on.

6 So what I'd like folks on this group to do is
7 try to recognize the role of each one of our entities and
8 communicate to my office directly about any Stakeholder
9 Advisory Committee functions, you know, feedback that you may
10 have. We'll kind of manage that between ACEP and the Denali
11 Commission so that that way we can maintain the integrity of
12 the role of our contractor as they do the work that they're
13 set out to do.

14 So any questions about that or, Gwen, Jason, is
15 there anything that I've left out?

16 MR. JASON MEYER: I would just turn it over to
17 the SAG if there's any questions at this time about the intent
18 of the SAG or just kind of the initial introductions or the
19 process.

20 MS. DENALI DANIELS: Okay. I've probably talked
21 enough about it then. So what I'm going to do is just keep us
22 moving here.

23 Next up on the agenda is basically we've got two
24 presentations. And what I'm going to do is I'm going to ask
25 that you hold your questions until after the first

1 presentation. We'll pause and then have a little bit of
2 discussion just depending on the nature of any questions, and
3 then we'll move forward. In the interest of time, we really
4 don't have a lot of time here and I know it's real easy to get
5 into the details, and my suspicion is that some of your
6 questions may be answered once we get through it. So if you
7 could just get your pen ready, write your questions down.

8 I'm going to turn it over to Joel and have him
9 go through the Phase I overview. And then once he's finished
10 with that, we'll go ahead and stop and we'll have an
11 opportunity for discussions. So, Joel, go ahead.

12 MR. JOEL GROVES: Okay. Thank you, Denali. And
13 then once -- just a little procedural thing. Once we do get
14 into the Q & A, because we are doing a transcript of the
15 meeting, if you try to keep the comments very serial so we
16 don't get a lot of cross talk. That becomes very, very
17 difficult to get on the transcription; just a minor note
18 there.

19 So, yeah, what I'd like to do first is just give
20 an overview of the HVDC project. This is -- well, we'll even
21 go quicker than that. You know, what is the point of this
22 project? And it's really simple; we're trying to reduce
23 remote Alaska energy costs. You probably heard a lot of this
24 down the street already.

25 But the way that we're looking at doing that on

1 this particular project is to provide a lower cost,
2 technically superior transmission technology to tie rural
3 Alaska communities and energy resources together. Existing
4 practice three or four wire overhead AC interties, extremely
5 expensive to build out in the Bush. They're looking at
6 experience of 200- to \$400,000 a mile. If you want to go out
7 five miles to try and connect a village, get to a hydro wind
8 site, whatever, you're looking at a million dollars right
9 there just for capital costs. Extremely prohibitive.

10 What we're looking at trying to do with HVDC is
11 reduce that. We're looking at cutting those costs in half,
12 and that's a project-specific cost savings, but on a
13 conceptual basis, we're looking at cutting those costs in
14 half, and that will help to encourage the villages to form
15 microgrids.

16 You know, there's a number of them that have
17 been talked about down around Naknek; you've got a 25 village
18 intertie. Around Bethel you have these large interties that
19 have been proposed.

20 Trying to get the cost of building those
21 interties down to the point where they can actually happen, in
22 so doing, we'll start to build economies of scale where you'll
23 have larger loads. You can start to put in larger generation
24 assets.

25 You can drive down the unit cost of hydro

1 developments, wind farms, geothermal, et cetera, et cetera and
2 start to -- you know, start to do things with, let's say, a 1
3 megawatt grid that you just can't do with a 100 hundred
4 kilowatt or even a 250 kilowatt grid; so start to drive those
5 costs down.

6 Another thing that the lower cost transmission
7 can do is if you can afford a million dollars of transmission
8 in some project, you have this five-mile radius or two and a
9 half to five-mile radius, if you cut the cost per mile in
10 half, you can go out twice as far to reach these local
11 renewable -- or these local energy resources. They don't have
12 to be renewable, they might be a gas field or a coal field or
13 whatever.

14 So, again, lower cost transmission; it just
15 increases -- I mean, I guess if you cut the cost in half, it
16 doubles the amount of area that you can reach out and harvest
17 renewable energy resources or local energy resources. So
18 that's the big picture; that's what we're trying to do here.

19 What is high-voltage direct current
20 transmission? It's a proven technology that's been used all
21 over the world for decades. It's used for very large scale
22 power transmission, thousands of megawatts, typical hundreds
23 of thousands of megawatts.

24 There's three general situations where you'll
25 find HVDC used in the world today: Very large-scale power

1 transmission. If you look at getting power from the Three
2 Gorges Dam in China out to the coastal cities, you have three
3 or four HVDC interties moving thousands of megawatts each to
4 get that power to the market.

5 The Pacific Intertie along the Pacific coast of
6 the United States, 3100 megawatt intertie that goes from
7 Celilo, Oregon along the Columbia River down to Sylmar in
8 southern California. So that's one example is very
9 large-scale power transfer. HVDC is a lower cost, more
10 efficient and has a smaller footprint than comparable AC
11 interties.

12 Another key one is submarine cables. You cannot
13 run long distance with AC because of the reactive or the
14 capacitance of the cable. You can do that with DC. And so
15 you'll find between Scandinavia and mainland Europe you have a
16 number of DC interties, between the north and south islands of
17 New Zealand, between Australia and Tasmania, et cetera, et
18 cetera.

19 And then the third prevailing existing
20 application is for clutches or basically asynchronous
21 interties between large grids.

22 Throughout the Lower 48, you have between the
23 Pacific grid -- or the West Coast grid, the Northeast grid,
24 Hydro-Quebec up in Canada, Texas, et cetera, et cetera, you
25 have back-to-back HVDC stations that just provide an

1 asynchronous power transfer capability so you don't have to
2 synchronize and phase on those water systems.

3 If we are -- so that's the existing technology.
4 If we move forward to Alaska, all of those same attributes of
5 HVDC technology apply and are beneficial in Alaska, but what
6 we need is a much, much smaller technology. HVDC systems
7 right now are -- like I said, they're sized for thousands
8 of -- or hundreds or thousands of megawatts, and if we look
9 into rural Alaska, we need about 1 megawatt. That doesn't
10 exist commercially today.

11 So this project is developing a 1 megawatt
12 monopolar bi-directional HVDC converter, and it's also
13 developing conceptual intertie designs or, if you will, a
14 design manual that will guide the design of rural Alaska
15 interties that are optimized to use HVDC and are cognizant of
16 the logistical and technological constraints of working in the
17 Bush.

18 So we want to design new intertie systems that
19 you can actually build with the, you know, very long supply
20 chain, very limited availability of construction equipment,
21 shipping, logistics, et cetera, et cetera. It will actually
22 bring down the cost these systems out there.

23 And then a key part of this project -- because
24 we're talking about new stuff here, and new technology and
25 rural Alaska often don't get along very well together -- is we

1 want to gain industry support.

2 And this is one of the aspects of the SAG that's
3 going to be very useful to tailor the design of this
4 technology and understand this technology so that when this
5 thing is commercially ready, the rural utilities are going to
6 be ready to actually use this technology.

7 We don't want some -- we don't want a study that
8 sits on a shelf, we don't want a technology that never gets
9 past the demonstration phase. We want to actually
10 revolutionize the way that power transmission is done in the
11 Bush.

12 And then an adjunct to that is that there's some
13 regulatory impediments to fully utilizing the capabilities of
14 HVDC that we want to work on to try and -- to try and optimize
15 and maximize the benefits of what we're doing.

16 So to get into this project in a little bit more
17 detail, Phase I was funded by the Denali Commission, like
18 Denali mentioned, and that was completed through AVEC in 2008
19 and 2009.

20 There were two main things that went on there;
21 one was the construction of a proof of concept of the
22 converter technology, because that's a -- a key part of this
23 system is a commercially viable, functional, 1 megawatt HVDC
24 converter. So that was successfully completed.

25 And then the other side was looking at a

1 conceptual level at some of the overall system costs, system
2 life cycle costs, and the basic technical feasibility of some
3 of the intertie -- the physical or structural elements of the
4 intertie technologies.

5 Phase II, which is just now getting underway is
6 to build a fully functional, 1 megawatt, 50 kilovolt
7 bi-directional DC converter, sort of the first article
8 commercial unit and test that. So design, build and test it,
9 and then also to advance a lot of transmission concepts so
10 that they are basically ready to go into the design phase of a
11 specific project somewhere, a commercial installation in the
12 Bush.

13 And then Phase III would be a demonstration
14 project between two villages in the Bush or some other
15 configuration of the technology in a fully functional
16 commercial implementation of the technology, and the location
17 of that is to be determined.

18 And that's one of the things that we'll want to
19 focus on in trying to determine in Phase II -- as early as
20 possible in Phase II so that we can tailor some of the Phase
21 II work to that Phase III demonstration project if we know
22 specifically what type of intertie that is, we can focus some
23 of the Phase II work on developing the aspects that we'll need
24 for that Phase III project.

25 So a little bit more detail on the Phase I

1 findings. The demonstrator unit that was built was a 12
2 kilovolt DC to three-phase 480 volt AC converter that --
3 operating at 250 kilowatts, and that successfully demonstrated
4 the basic technical functionality of it, but it worked, but,
5 importantly, also the converter efficiency and the cost of the
6 converter. So it demonstrated that the technology would
7 actually meet the basic commercial threshold to compete with
8 AC and deliver the savings that were necessary for this entire
9 endeavor to make sense.

10 Looking at a conceptual comparison of a 25-mile
11 intertie between an AC versus the DC system, we estimate a 56
12 percent capital cost savings and a 28 percent life cycle cost
13 savings.

14 The lower life cycle savings was due to the
15 converters having a slightly higher power loss than a
16 comparable AC power transformer. So that brought down the
17 savings a little bit, but there's still a substantial
18 28 percent savings on a life cycle basis.

19 These are just some pictures of some of the
20 testing apparatus. This was done by subcontractor Princeton
21 Power Systems located down in New Jersey, they're sort of a
22 startup -- or I don't know if you really call them a startup
23 anymore there; they're doing quite well. But they're a
24 startup out the Princeton University incubator, so-to-speak.

25 And just the upper left there is just some

1 rectifiers and filters to -- to synthesize the 12 kilovolt DC
2 input into the converter, and then this other one is some
3 conditioning circuits and other control circuits for the
4 converter.

5 This right here is the controller -- the
6 controller -- this is the motherboard and this is the
7 triggering card. Basically, the converter -- not to get into
8 too much detail -- is a bunch of a solid state switches,
9 chopping up the DC or AC waveform into a bunch of a little
10 packets and storing those packets in a capacitor and
11 rebuilding those little energy packets into the output
12 waveform.

13 And that's achieved with -- these are
14 fiber-optic triggering circuits that go off into the IGBTs,
15 which are the solid state switches that deconstruct or
16 reconstruct those waveforms. Let's see if everyone has gotten
17 completely glossed over there, though. It's a very, very.....

18 MS. DENALI DANIELS: No, that was good.

19 MR. JOEL GROVES: Interview. This is the
20 projected efficiency curve of the 1 megawatt unit, and a lot
21 of this is in the Phase I report that hopefully everyone
22 picked up. If you didn't, there's a stack of them right there
23 and I have some more in the event we run out, but there's a
24 lot more detail on these slides in the Phase I report.

25 Basically, across the bottom here you have the

1 power throughput from 0 to 100 kilowatts -- 1000 kilowatts,
2 and on the side you have the converter efficiency. So at very
3 low -- at a 10 percent loading, you're at about 97 percent
4 efficiency. Up around 300 kilowatts or 30 percent loading,
5 you come up to 97.75. And then it tapers off; at full
6 throughput you have about 96.75 percent efficiency. And
7 this -- this efficiency curve is what was used in the life
8 cycle analysis of the system.

9 This might be a little bit complicated to see,
10 but what we did here is looking at the savings has a function
11 of intertie distance. So across the bottom is you have the
12 intertie distance for a point-to-point intertie.

13 And the blue line up there is -- this is all
14 relative to what a hypothetical AC intertie would cost. So
15 the blue line is the AC intertie at 100 percent. And what you
16 have is these two black lines coming down.

17 The higher one is for a conventional
18 construction rural intertie; so wooden poles perhaps on steel,
19 HV interfoundations with your four-wire intertie. And all
20 we've done is we've simply taken two of those wires off. We
21 insulated it for DC operation, and that's the cost savings
22 that you get for that.

23 The lower one is a more optimized, a single wire
24 earth return circuit using long spans, 1000-foot spans and
25 very tall fiberglass poles, which is what we view as one

1 example of an optimized overhead intertie using the DC
2 technology, and you can see you get a much more significant
3 savings.

4 So there's a couple of take-home messages off
5 this curve. Very short interties, because the converters are
6 relative expensive, those don't make sense. You can see using
7 the innovative technology, a 10-mile intertie with HVDC is
8 about the same cost as for an AC intertie. Anything shorter
9 than that, it's going to be more expensive. The longer they
10 get, the cheaper they get compared to an AC intertie.

11 And so for a 50-mile intertie, you're looking at
12 a savings of about almost about 40 percent for the innovative
13 overhead intertie technology. If you're going with
14 conventional construction, you'll still see about a 14 percent
15 savings. But, obviously, you can see there's a large --
16 there's a large sum of money there from a capital basis -- or
17 a capital-cost basis of an intertie that can be saved by using
18 innovative intertie construction methods. So it's something
19 worth working towards.

20 Phase II.

21 MR. JASON MEYER: Joel, did you want to --
22 should we stop for questions?

23 MR. JOEL GROVES: Oh, I'm sorry, yeah. I'm
24 running.....

25 MS. DENALI DANIELS: So I'll open it up if

1 anyone has any questions on Phase I. And, I guess, the only
2 thing I would say is if you think we're going to answer it in
3 Phase II, then we'll just wait.

4 MR. JOEL GROVES: Okay.

5 MS. DENALI DANIELS: Open it up for questions.

6 MR. JERALD BROWN: You were talking about the
7 difference between the cost savings -- the installation-cost
8 savings versus life-cycle cost savings. On this chart here,
9 is that life-cycle or installation?

10 MR. JOEL GROVES: This is life-cycle.

11 MR. JERALD BROWN: Okay.

12 MR. JOEL GROVES: Yeah.

13 MR. JERALD BROWN: And does the -- you said that
14 the reason for the difference between the savings on the two,
15 the life-cycle versus the installation was basically line loss
16 or efficiencies.

17 MR. JOEL GROVES: No, on this chart here, the
18 difference between the curves is.....

19 MR. JERALD BROWN: No, I'm not talking about
20 the.....

21 MR. JOEL GROVES: Oh, I'm sorry. Go ahead.

22 MR. JERALD BROWN: The -- what was it, around
23 50 percent less expensive to install, but only 28 percent less
24 expensive life-cycle?

25 MR. JOEL GROVES: Yeah.

1 MR. JERALD BROWN: And the reason for the
2 difference was?

3 MR. JOEL GROVES: Is the lower efficiency of the
4 HVDC relative to an AC transformer. And actually to -- I
5 guess, to.....

6 MR. JERALD BROWN: My ultimate question then is
7 does that change with the number of miles that you're
8 covering, that inefficiency in the -- in the.....

9 MR. JOEL GROVES: Let me start and then I think
10 Earle wants to add --

11 MR. EARLE AUSMAN: Yeah.

12 MR. JOEL GROVES: Well, go ahead, Earle.

13 MR. EARLE AUSMAN: Your question is well-taken.
14 What happens with the DC, because the amount of amps we're
15 carrying is so low, that in a general case and everything else
16 like that, our line loss is dropped. So our line losses
17 eventually overcome -- more than overcome the converter costs
18 losses.

19 In other words, if the -- the transformer is
20 maybe at 98 -- 98.5 percent and we're under that, but as the
21 line becomes longer and longer, we are better off
22 efficient-wise, as well as cost-wise.

23 The only part that we don't change the cost on,
24 of course, is the end station as far as what is more expensive
25 than the transformer. And so that's why these big, big lines

1 are all -- almost all DC for that reason, among other reasons.
2 It's just cheaper and run more effective and less costly.

3 MS. DENALI DANIELS: Does that answer your
4 question, Jerry?

5 MR. JERALD BROWN: It does.

6 MS. DENALI DANIELS: Great. Any other questions
7 on Phase I? On the teleconference do we have any questions
8 about Phase I? Hearing none, thank you. Let's go ahead and
9 move on to Phase II.

10 MR. JOEL GROVES: Okay. And I guess I'll just
11 start off with a good question. Thank you.

12 So in Phase II -- and I already touched on this
13 a little bit -- the primary tasks are we're going to design,
14 build, and test the full-scale, first-article, bi-directional
15 monopolar HVDC converter. That will be a 50 kilovolt, 1
16 megawatt converter.

17 We're going to develop and test some of the
18 conceptual designs for the transmission lines, and there we're
19 looking at buried overland cable, submarine cable and overhead
20 systems.

21 We're going to test the direct current single
22 wire earth return performance in Alaska soils. One of the key
23 issues with that is permafrost soils are typically at very
24 high resistivity, so we want to go ahead and put in -- install
25 a test installation, run a DC current through an earth return

1 circuit and develop some design parameters and develop some
2 industry confidence that those types of circuits actually
3 work; they're safe and they're effective, and they're
4 something that we should do.

5 That will lead into some of the co-changes that
6 are necessary because currently single wire earth return is
7 not allowed by the electric codes except for emergency
8 situations.

9 With that data, we're going to go ahead and
10 resist those, reanalyze and update those, some of the economic
11 charts and calculations that we saw. Once we have more of
12 this -- more of the cost data, we can refine those and make
13 sure that the system still make sense and quantify how much it
14 makes sense.

15 And then advanced industry support for the
16 system, again, that's where the SAG is key, in my view, is we
17 want to make sure that you guys are getting your questions,
18 the utility folks in the room are getting your questions and
19 your concerns about this answered early on.

20 And to the extent that we need to do testing or
21 research to answer any of these questions, we can identify
22 that early on and do that work so that this system gains broad
23 industry support.

24 And then the one that's invisible down there is
25 to identify the project for the Phase III system. Obviously,

1 the sooner we know where we're going to build the Phase III
2 demonstration project, the more we can tailor the Phase II
3 work to those -- to that specific application.

4 This is pretty basic. The converter we will --
5 for the HVDC converter -- and, again, this will be through
6 subcontractor, Princeton Power Systems -- develop the
7 functional and technical specifications for the converter,
8 design and model the converter, and then build and test it.
9 It seems so simple when I put it that way.

10 And then the -- on the transmission side, what
11 we'll be doing is, for example, for the overhead system, we'll
12 do a conceptual design of that system and this -- what was
13 advanced in Phase II, basically the system that we're looking
14 at consists of what I call the long-spans tall poles concept,
15 about a 1,000-foot span, 70-foot tall poles; and those would
16 be fiberglass guide poles that is -- you know, it's one of --
17 one of almost an infinite variety of designs you could use for
18 an overhead system in rural Alaska.

19 This one is designed to -- it would be a lower
20 cost to build in an area like the YK Delta where you're
21 very -- you have marginal permafrost, weak soils, you know,
22 the salt-rich soils out there. It's very difficult to build
23 cantilevered pole systems like they're doing now or very
24 expensive to do, I should say.

25 So we'll start with that conceptual design, come

1 up with loadings for all of the -- you know, structural
2 loadings for that design, come up with a series of conceptual
3 design-basis documents that will basically put in the
4 environmental parameters that go into the system, develop
5 performance specifications that will develop the structural
6 loadings and whatnot for the various components, determine the
7 commercial availability of those components.

8 For example, the fiberglass poles might be
9 something that is available off the shelf, in which case you
10 can look at the cost and availability of that device or that
11 component, decide if it's cost effective for this technology
12 and, if need be, decide if you can optimize that for this
13 particular application as opposed to using that
14 off-the-shelf-component.

15 Some of these items may not be commercially
16 available, in which case, we will design, build, and test
17 those to make sure they're ready for use on a project.

18 Then, like I mentioned, we'll be installing a
19 ground circuit in permafrost soils to make sure that it works,
20 and we'll operate that for a period of time, monitor the
21 performance on that ground circuit, and collect a bunch of
22 data on the performance of that that will be useful for
23 designing future earth return circuits. Sort of the end
24 result here you might think of as a design manual for how you
25 build a DC earth return circuit in an arctic climate.

1 And then the agenda has a break.

2 MR. DANIELS: We don't need a break.

3 MR. GROVES: Oh, we don't need a break. So.....

4 MR. DANIELS: Sorry. I bet you guys have been
5 at this for a while, but.....

6 MR. GROVES: So the purpose of the SAG, Denali
7 mentioned a lot of -- sort of gave an overview of the SAG.
8 From our perspective, I think it -- I think everything that
9 she said is spot-on.

10 But, you know, the end result is to help this
11 technology become a useful -- or this system become a useful
12 technology for Alaska. At the end of the day, we want this
13 stuff to be successful, we want it to be deployed, and we want
14 Alaska to benefit from it.

15 So to that end, system review; there will be a
16 number of points where we look at the design basis for some of
17 the aspects of this system, some of the functional aspects,
18 and then some of the political aspects of this system. We'll
19 be looking at the SAG for input on that to make sure that the
20 way that we are advancing this is something that will be
21 embraced and used in the state.

22 And then part of that also is to define,
23 understand, and support the code revisions that we think are
24 necessary to fully utilize this technology.

25 And then to extent that there is -- that there

1 maybe a level of discomfort with some of those revisions to define --
2 I've never really talked about what those are. I think I'm
3 going to have to do that.

4 MR. DANIELS: Can I just -- I'm going.....

5 MR. JOEL GROVES: Yeah.

6 MS. DENALI DANIELS: Are we done with the Phase
7 II part of your presentation?

8 MR. JOEL GROVES: Yes.

9 MS. DENALI DANIELS: Okay.

10 MR. JOEL GROVES: Yes.

11 MS. DENALI DANIELS: If we -- why don't we go
12 ahead and pause there.

13 MR. JOEL GROVES: Okay.

14 MS. DENALI DANIELS: And open it up for
15 questions about Phase II. And so I actually have a question,
16 so I'll -- but the permafrost soil testing, where will that be
17 taking place?

18 MR. JOEL GROVES: We haven't determined that
19 yet. Conceptually, it will probably be like somewhere up
20 around Glennallen, for example. We'll find maybe some land up
21 there and install that installation.

22 MR. EARLE AUSMAN: We're looking at areas that
23 are common to the ones that cause people a lot of trouble
24 and -- and like YK Delta and the places that are marginal
25 permafrost.

1 It's easy to deal with Kent's type of permafrost
2 up on the North Slope because it stays frozen. We're looking
3 for a place that might not stay frozen, and so we're trying to
4 solve that particular problem. And if we can solve that
5 problem, we would have a universal solution. And so that's
6 going to be very helpful for people that -- that now go out
7 and drive piling and everything else.

8 MR. JOEL GROVES: Yeah. And from a -- you know
9 for the sake of Phase II, we're looking at something on the
10 road system because, you know, we're not trying to solve the
11 logistic issues, we're looking at the technical issues of
12 working on the ground. So we'll probably go to the road
13 systems because we don't want to incur the cost of doing
14 something, let's say, in Bethel.

15 MS. DENALI DANIELS: So a place.....

16 MR. TOM LOVAS: You can get enough data from
17 just one location?

18 MS. DENALI DANIELS: Good question.

19 MR. JOEL GROVES: Earle, do you want.....

20 MR. EARLE AUSMAN: We don't get all the data,
21 but we get the most important data, and the data that we're
22 getting is that on the margin. We're looking at the margin.

23 For example, if we're in Kent Grinage's area, we
24 can go in and basically put in standard poles but just a
25 little deeper to deal with a seasonal frost and things. We're

1 looking for a place that's nasty and that -- and make sure it
2 works in that. And if it works in that, then it will work in
3 all these other places as well.

4 MR. TOM LOVAS: Eventually identifying a worst
5 case.

6 MR. JOEL GROVES: Exactly and that's -- you
7 know, the overhead system that we're advancing here is really
8 one of infinite intertie -- overhead intertie designs that you
9 might use, and it's the one that we think addresses the most
10 difficult technical conditions, and that's why we're doing
11 that one.

12 MS. DENALI DANIELS: Jason, and then do I see
13 another hand?

14 MR. JASON MEYER: Joel, I was wondering if you
15 could talk about the codes and just for people who might not
16 be aware of the codes and kind of the ramifications or the
17 state only, national.

18 MR. JOEL GROVES: Yeah, absolutely. There's --
19 I sort have been realizing that's missing out of my
20 presentation.

21 Yeah, there's two aspects of the codes that
22 we've identified that warrant revision. Now, what those are
23 is -- I think I mentioned the NEC and NESC, one, the other, or
24 both; I can't remember off the top of my head.

25 MR. EARLE AUSMAN: NESC.

1 MR. JOEL GROVES: Which is it?

2 MR. EARLE AUSMAN: It's the NESC.

3 MR. JOEL GROVES: It's the NESC. Thank you.

4 MR. EARLE AUSMAN: We're not under the NEC for
5 this stuff that's outside the buildings.

6 MR. JOEL GROVES: Right, okay. So the NESC does
7 not allow ground return transmission circuits for best
8 standard practice. It's allowed under emergency situations,
9 but the current NESC does not allow it as standard practice.

10 The two main reasons for that is public safety
11 because you have the potential for -- the possibility of step
12 potential. Basically you have a voltage gradient on the
13 ground that becomes a public safety hazard.

14 And the other is the potential with a DC return
15 circuit. You have the potential to -- I need to stop saying
16 potential in this context. You have the possibility of
17 inducing corrosion in metallic utilities.

18 The problem is that the NESC is thinking about
19 the Lower 48. If you move to rural Alaska situations, you
20 don't have a lot of utilities to corrode, so in most
21 situations that's not an issue.

22 And the step potential is something that is
23 going to be isolated to the grounding grid area. That's
24 something we want to define in the test that we're doing here.
25 If need be, you may need to fence off a certain perimeter or

1 possibly you can just put the grounding system in deep enough
2 that you don't develop that step potential on the surface and
3 it's just not an issue.

4 The other potential code revision is the minimal
5 burial depth for cables. Again, that's something that in the
6 middle of nowhere, a transmission line between two remote
7 villages, there's just -- there's no good rationale to go
8 ahead and bury a cable when it's going to significantly
9 increase the cost of putting in an overland cable. So that's
10 something else that we think warrants studying to see if
11 there's a state amendment or waiver to the code that does not
12 require that. Mr. Grinage.

13 MR. KENT GRINAGE: We run into a lot of fish and
14 wildlife concerns about pole lines.

15 MR. JOEL GROVES: Yeah, and that's.....

16 MR. KENT GRINAGE: And when we bring this Barrow
17 to Atqasuk line up, we're going to have a battle on our hands.

18 MR. JOEL GROVES: Yeah, and that's -- you know,
19 there's a couple of aspects of that. Number one is a
20 single-wire overhead DC line will have one wire aloft; an AC
21 line has three or four wires aloft depending on the
22 configuration. So there's a -- and the -- with the long-span
23 tall pole concept, it's also higher up and may be out of most
24 the bird traffic.

25 So the overhead line may actually be preferable

1 from a permitting standpoint. That's obviously a discussion
2 that you'd have to get into with Fish & Wildlife on a specific
3 project.

4 And then the other possibility is with DC, just
5 like with submarine cables, you can use buried overland cables
6 for essentially unlimited distances. So that becomes a real
7 opportunity that the DC creates is if do you have a critical
8 bird flight corridor that you're just not going to get an
9 overhead line through, you can do a buried cable for, you
10 know, essentially unlimited distances.

11 MR. EARLE AUSMAN: Tell them about the cases
12 that we're going to look at -- we're going to look at that's
13 part of our job that we're going to look at after cracking.

14 MR. JOEL GROVES: Well, yeah, yeah, definitely.
15 One of the key issues with buried cables in arctic climates is
16 polygonal cracking, as I'm sure you're aware of up on the
17 North Slope.

18 And polygonal cracking has -- Brent has had a
19 lot of experience with or frost cracking -- is if you don't
20 properly design those cables, when the ground contracts, it
21 will simply pull the cable apart and it will fail. So that's
22 something that using overland cables will -- those cables will
23 need to address that technical challenge.

24 MS. DENALI DANIELS: Okay. I had Kirk, Ingemar
25 and then Mitch. Mitch.

1 MR. KIRK HARDCASTLE: I want to build off of
2 Denali's question in regards to submarine cables for southeast
3 Alaska. Are there any plans on moving into doing testing down
4 there to be able to access a lot of the resources we have?

5 MR. JOEL GROVES: Yeah, one of the -- I assume
6 everyone heard the question. I can repeat it if not.

7 MR. KIRK HARDCASTLE: Submarine DC cables.

8 MR. JOEL GROVES: Yeah, submarine DC cables and
9 with regard to southeast. That's, obviously, a major
10 implication of this technology is the ability to use submarine
11 cables.

12 What we have right now -- and Earle has done a
13 fair amount of research on this on in Phase I -- is the
14 question of all of the -- if you look at a submarine cable, a
15 cross section, all of the little bits and pieces in there are
16 existing commercial materials that will work for the
17 application.

18 The question is, is anybody building that cable
19 that you need, or is there an existing commercial cable that's
20 available that's close enough that does the job and is cost
21 effective? That's something we need to work on in Phase II
22 because Earle's initial research in Phase I, the answer is
23 this cable doesn't exist and none these cables are really what
24 you want. So that's the first that we'll be doing in Phase
25 I -- or Phase II is to work on trying to find a vendor or find

1 a cable that's ready that works.

2 And to me, you know, one of the things that
3 we've tentatively identified is that there might be some
4 existing cables that maybe need some testing done, and we'll
5 starting working with the vendors or their manufacturers of
6 those cables to develop a specific plan of action to find
7 that.

8 MR. KIRK HARDCASTLE: So is that pretty far
9 away?

10 MR. JOEL GROVES: Yes, they're all over the
11 world. Earle?

12 MR. EARLE AUSMAN: We've talked to cable
13 manufacturers, and cable manufacturers tell us they will
14 provide us with their cable so that we can do some of this
15 testing utilizing their cable. So they want to know what the
16 answers are too, and we want to know what the answers are so
17 we can get the cables that we need to do some of this work.

18 MS. DENALI DANIELS: Okay. Ingemar?

19 MR. INGEMAR MATHIASSEN: You seem to indicate
20 there's three circuits running in Scandinavia even to this
21 day. And, if so, are there any in the arctic? And if there
22 are, could we look at the code they use over there and what
23 kind of conditions they.....

24 MR. JOEL GROVES: Yeah, there are SWER circuits
25 operating in Scandinavia. Some of the submarine cables that

1 run under the Baltic are monopolar cables using a C return,
2 but the grounding grids are onshore.

3 MR. INGEMAR MATHIASSEN: I'm aware of that. I
4 just wondered if you were aware of any overland, like what you
5 are proposing, like in the arctic conditions.

6 MR. JOEL GROVES: Yeah, functionally those
7 ones -- I don't know if there are any that are strictly
8 overland, but, you know, with the grounding grids on land,
9 it's basically the same thing.

10 Once the return current gets a little ways away
11 from the grounding grids, it's so diffuse that if it's running
12 through the ocean or the sea bed or the land, it's almost
13 immaterial because it has these massively parallel pathways
14 and it just goes everywhere.

15 As to the codes over there, I don't know, have
16 if you looked into that Earle.

17 MR. EARLE AUSMAN: No, I have not; however, one
18 of the first underwater cables that was laid was to the Island
19 of Gotland by the Scandinavians, and they used the first solid
20 state valve -- what they call valve, which is part of one of
21 these rectifier circuits. And they utilized that, and that
22 was a monopolar in that particular project, and they discussed
23 in detail the grounding situation.

24 MR. INGEMAR MATHIASSEN: I'm aware of that.
25 When I grew up, I was about 50 miles away it.

1 MR. EARLE AUSMAN: So did you get electrocuted?

2 MR. JERALD BROWN: That's why he moved here.

3 MS. DENALI DANIELS: Did that answer your
4 question?

5 MR. INGEMAR MATHIASSEN: Yeah.

6 MS. DENALI DANIELS: It sounds like we need some
7 more research.

8 MR. INGEMAR MATHIASSEN: I think we need to look
9 into the code over there.

10 MR. JOEL GROVES: Yeah, no, I think that's an
11 excellent point.

12 MS. DENALI DANIELS: Mitch.

13 MR. EARLE AUSMAN: We've checked with New
14 Zealand and Australia.

15 MR. JOEL GROVES: Yeah. I guess to follow up on
16 that, in New Zealand and Australia they do use ground circuits
17 extensively on AC systems. They have a lot of rural areas,
18 and they'll have a single-phase AC line that runs out, and
19 they have a ground return circuit on that.

20 And we've looked into their codes, and I
21 don't -- I think we've tried and tried and haven't really
22 gotten any feedback from them.

23 MR. EARLE AUSMAN: I'm trying to get the -- I'm
24 trying to work with those people, and I'm still working on it
25 and will continue this in the Phase II part of it to get a

1 hold of somebody in their code committees to find out what
2 their actual experience is. We can get the code; that's not
3 the problem. The problem is how did it work and did you have
4 any problems with it? And that's the question.

5 MS. DENALI DANIELS: Okay. Mitch.

6 MR. MITCH ERICKSON: I just dealt with
7 permafrost and stuff, but would it be beneficial for you if we
8 could get a hold of drill logs and soil samples for you of our
9 areas?

10 MR. JOEL GROVES: Absolutely. And that's -- you
11 know, one of the things is that we will start developing and
12 route through ACEP or Denali Commission some of these
13 information requests. There's a lot of experience out there
14 in the industry and around the state that -- you know, on some
15 of these, like the foundation issues and what not that we
16 would love to hear some of the experiences because that could
17 help us design the system and advance the technology.

18 MR. EARLE AUSMAN: Can I add a little something
19 in there? We tapped into -- in the work we've done
20 previously, we tapped into a number of the utilities and
21 called them up and asked them what their loading conditions
22 were and the experience of various kinds of construction and
23 other things like that in the process of starting work on
24 this.

25 So this Phase II will be a continuation of the

1 same effort, and this organization can provide us with lots of
2 information that's very useful and can be used utilized and
3 incorporated into this entire process, and we hope that you
4 will do that and feel free to do that.

5 MR. JOEL GROVES: Are there any other questions?

6 MS. DENALI DANIELS: So how much further do we
7 have on your PowerPoint? And I'm trying to figure out where
8 we're at on the agenda here. I think we've been flirting with
9 the codes discussion, but we haven't addressed the sizing
10 issue; is that coming?

11 MR. JOEL GROVES: Exactly, yes.

12 MS. DENALI DANIELS: Okay. I'll let you go
13 ahead then.

14 MR. JOEL GROVES: Okay. So the process that we
15 see for the SAG, I guess the sort of -- you know, try and
16 crystalize that a little bit is -- and I think Denali
17 Commission is missing when I look at this now. You know,
18 we'll -- what Polarconsult will do is synthesize sort of like
19 a white paper on these issues that we're seeking input from.
20 And we'll run that up the -- sort of up the flagpole within
21 the structure of this project. And that will come out to the
22 SAG members for comment, and then you guys will bring your
23 comments back and we'll go ahead and incorporate those.

24 And that's where, like, the technical criteria
25 that Mitch was discussing with permafrost -- you know, where

1 we'll put together sort of a design basis for what are the
2 environmental parameters on these issues -- or these designs,
3 you know, say, here's what we've got, we'd love your data.
4 And then hopefully that data will come back in, you know,
5 rather through the Denali Commission.

6 MS. DENALI DANIELS: I have a question about
7 that.

8 MR. JOEL GROVES: Yeah.

9 MS. DENALI DANIELS: Just so committee members
10 know what to expect, are there key milestones coming, say, in
11 the next 60 days, 90 days? You know, when should we be
12 expecting requests like this to be distributed out to the
13 group?

14 MR. JOEL GROVES: Yeah, I've got -- I'll get to
15 it in a second, but there's four key points that we've
16 identified or key discussion topics we've identified to date,
17 and I'm hoping to get some of those out very soon so we can
18 start to get that dialogue going.

19 MS. DENALI DANIELS: Okay.

20 MR. JOEL GROVES: And here are the four, so good
21 question. So, you know, No. 1 is system sizing, and I'll
22 actually present some of the data on the next couple slides
23 here.

24 Like I've mentioned, we're looking at doing a 1
25 megawatt system for rural Alaska, and I'll walk you through

1 some of the data that supports why 1 megawatt is the right
2 size.

3 The second key issue is the system design
4 parameters, the functionality, and the environmental loadings.
5 This goes back to some of Mitch's comments. So we'll get
6 those also synthesized in the near future and distribute those
7 out, you know, through ACEP and the Denali Commission to get
8 feedback on those.

9 And then the third one, probably a little bit
10 farther out, maybe a month or two away, is -- well, maybe
11 sooner than that. Probably in the next month I think it would
12 be good to get that out -- is the code changes that we think
13 are beneficial. And it starts listing comment on the strategy
14 for, you know, what are the questions the utilities have on
15 those that we should work on answering and how, you know,
16 what's -- what's the strategy to go ahead and make those code
17 changes happen in a rationale way.

18 And then the fourth key one is sort of the
19 vision, the applications, and the priorities for this
20 technology in this system. Specifically is the Phase III
21 project, but beyond that, state-wide deployment; where do
22 people want this technology to go? You know, there's a huge
23 demand, I think, for building interties that will help to
24 reduce the cost of energy, and this sort of ties into the
25 state-wide energy plan to a very large degree really.

1 But, you know, where does this technology need
2 to go? Is it really going to fly with DC or with submarine
3 cables, overhead, overland, southeast, arctic, YK Delta, where
4 is it going?

5 So now I'll look at that first question, the
6 system sizing.

7 MS. DENALI DANIELS: Why don't we take each of
8 these and stop and have a discussion if there are questions.

9 MR. JOEL GROVES: Absolutely.

10 MS. DENALI DANIELS: And then we'll -- before we
11 move on.

12 MR. JOEL GROVES: Absolutely. Thank you. So
13 system sizing study, like I mentioned, we're looking at a 1
14 megawatt system. What we did is we reviewed the Power Cost
15 Equalization Program database. The participating utilities
16 report their peak loads every month back to the Alaska Energy
17 Authority.

18 So we look for the past -- we looked at the past
19 three years of that monthly data for all of the 176
20 communities/utilities that participated in the PCE Program to
21 sort of look at the peak load that those utilities and
22 entities have against the 1 megawatt intertie capacity. And
23 this is the result. Across the bottom is 176 completely
24 illegible utilities and villages. Don't ask me to read them
25 all off, please. And then across the side is their peak power

1 demand over the past three years.

2 I'll now take a little segue way here. If you
3 look under the hood of the 1 megawatt design, it's actually
4 two parallel 500 kilowatt converters.

5 The way that's been -- it's designed that way so
6 that if you have any single component failure in there, the
7 converter will continue to function at half capacity. So you
8 don't have a blackout in terms of your power transmission
9 capability, it's just halved until you get that converter or
10 that component replaced.

11 And I guess while I'm on that topic, the
12 converters are also being designed so that when you do have to
13 replace one of those components, it's extremely easy to do.
14 You can take the converter down, open it up, pull out a card,
15 put in a new card, power it back up and you're good to go. So
16 that's where this 500 kilowatt threshold comes from.

17 So this is the failure mode of the 1 megawatt
18 converter. That failure mode can supply 60 percent of the
19 rural utilities participating in the PCE Program. The full 1
20 megawatt converter can supply 76 percent of the utilities.

21 And then these two are monopolar systems. So
22 you have a plus-50 kilovolt wire transmitting power, and then
23 you have either a ground wire, if you have a two-wire system,
24 where you have an earth return circuit.

25 If you switch to a bipolar system so now you're

1 running plus-50 kilovolts, minus-50 kilovolts, now you have a
2 2-megawatt power transfer capability. And that would be this
3 line up here, and that's serves 82 percent of the rural
4 utilities in the PCE program.

5 And as you can see looking at the curve, if you
6 wanted to try and increase that above 82 percent, you're going
7 to have to get really big really fast because now you're
8 getting into the hub communities, the Nakneks, the Barrows,
9 the Nomes, places like that. So.....

10 MS. DENALI DANIELS: Is this the time for
11 questions, or do you have another slide?

12 MR. JOEL GROVES: Yes, it is. No, I believe
13 this is -- this is a time for questions.

14 MS. DENALI DANIELS: Go ahead.

15 MR. JOEL GROVES: Yes.

16 MR. KENT GRINAGE: How about if you're picking
17 up more than one village.....

18 MR. JOEL GROVES: Yeah, if you're picking up
19 more than one village.

20 MR. KENT GRINAGE:from the same source?

21 MR. JOEL GROVES: Yeah, you're going to -- I
22 mean, if you look at -- a good example of that might be the
23 Naknek geothermal system that's reaching out to 25 villages,
24 which I believe I have a picture of. Aha, look at that.

25 So if you look at this leg down here, here's a

1 branch sort of like what you're talking about. And you'd have
2 to look at the, you know, what's the people of Pilot Point and
3 Egegik and -- well, I guess it's really just those two.

4 And in most cases, I mean, this is going -- this
5 is going to be a project-specific determination. But in most
6 cases, those two villages or those five villages are going to
7 total less than 1 megawatt, so, you know, a 1 megawatt system
8 for those is going to be fine.

9 If you look at this on a more general level, the
10 technology that we're working on right now is sort of the
11 branches of the tree. You know, you can imagine -- I don't
12 know if this is a very good picture of a tree, but the trunks
13 that you have -- well, actually, it is. I mean, you might
14 have between Naknek and Dillingham, you're going to have a
15 fairly -- you're going to want a fairly large power transfer
16 capability that will probably exceed even the 2 megawatt
17 bipolar, and there might be enough intermediate loads along
18 there that you might do that with an AC intertie.

19 But these loads that are going way out to
20 Togiak, Twin Hills, are going down to Pilot Point or other
21 sort of feeder lines that go out, the 1 megawatt system can
22 use -- can serve.

23 MS. DENALI DANIELS: Eric, did you have a
24 question?

25 MR. ERIC MARCHEGIANI: Kind in relation to what

1 your question is, Kent. You had mentioned that, okay, you
2 lose the unit, you know, basically you can take it out, put in
3 the other unit, okay, to replace it.

4 MR. JOEL GROVES: Yeah.

5 MR. ERIC MARCHEGIANI: Is it also possible to
6 add another unit; in other words, can you go 1 and a half to
7 2?

8 MR. JOEL GROVES: Uh-huh.

9 MR. ERIC MARCHEGIANI: So it's just a matter of
10 adding that increment so you could basically modularize
11 basically the section, whether it's to Dillingham -- maybe
12 Dillingham is, like you said, needs to be AC.

13 But, theoretically, let's say it was 2 and a
14 half megawatts that you needed to push to Dillingham, then you
15 add just three more to your two that you have, you've got
16 basically two and a half, and now you can push two and a half
17 to Dillingham.

18 MR. JOEL GROVES: And that's exactly right.
19 This is a very modularized design so you -- in a sense you
20 have these 500 kilowatt blocks that you can stack together and
21 there's -- you know, there will be some mechanical design
22 involved in repackaging it for that, but that's a fairly minor
23 issue.

24 Another -- you can -- you know, so that would
25 basically be increasing -- you'd be holding at 50 kilovolts

1 and increasing the current throughput on the system. If you
2 recall back to the slide with the little stacks that I showed
3 earlier, you can also adjust the voltage on this system.

4 And at some point, if you really went beyond
5 what we're talking about now, you might start -- you know, you
6 might end up with a more cost-effective series of components
7 on that including more expensive redesign, but within reason
8 you could probably bump this up to a higher voltage. You
9 might reduce the voltage if it made sense for some reason. So
10 it's also modular in that capacity too.

11 MS. DENALI DANIELS: Should we go back to that
12 other slide?

13 MR. JOEL GROVES: Probably. That was just a
14 convenient.....

15 MS. DENALI DANIELS: Do we have other questions?
16 I had a question but it escapes me at this point.

17 MR. JASON MEYER: Joel, do you have any specific
18 feedback that you're looking for at this point.

19 MR. JOEL GROVES: Oh, I guess, on this issue
20 right here, you know, when we put a white paper together on
21 this, it's not going much more than what you just saw.

22 So the question is here is, is there a strong
23 feeling that this is, you know, the right size or this is the
24 wrong size? We feel pretty confident that the 1 megawatt unit
25 at this stage in the commercial develop of this technology is

1 the right way to go.

2 MS. DENALI DANIELS: Brent and then Ingemar.

3 MR. BRENT PETRIE: Question. Have you looked at
4 the applicability of inverters that might be in wind turbines
5 today? And there are -- some of the direct drive turbines
6 generate AC, convert to DC, and then convert back to AC, and
7 it can be 50 hertz or 60 hertz. And, you know, they vary in
8 size from 100 kW to 1 and a half megawatts. Might any of
9 those be usable?

10 MR. EARLE AUSMAN: That's where I started out.
11 In fact, that's where I started out with Princeton; they were
12 talking about providing wind turbines and so forth.

13 But we're working with a higher voltage, the
14 necessity of a higher voltage, and that changes the entire
15 paradigm. They're not working at those kind of voltages, so
16 our case is completely different.

17 There's another thing about DC. DC has the
18 capability of feeding power into a fault. In other words, for
19 example, for some reason whether you have a voltage drop
20 because of the inability of one of our engines on one end to
21 provide enough power to the community, and rather than the
22 whole thing going out, the DC can continue to provide power
23 without necessarily going offline, which is what happens in
24 the United States except when there's DC. DC is unique and
25 that's why it's tying together the United States like stitches

1 in the center of the United States. There's no other way to
2 do it.

3 MR. INGEMAR MATHIASSEN: I understand this is a
4 scalable design then, right, under converters.

5 MR. JOEL GROVES: Uh-huh.

6 MR. INGEMAR MATHIASSEN: So I was just thinking
7 in terms of if a lot of villages get tied together and the
8 electricity rate actually falls, people have a tendency to use
9 more. So I'm just wondering if you're taking in account what
10 kind of percentage -- how it would grow if people had lower
11 cost elec --

12 MR. JOEL GROVES: Yeah, and I guess the answer
13 to that would be obviously a case-by-case situation. But when
14 you look at how many of the villages are -- you know, let's
15 say it doubles. You know, people start moving into space
16 heating or something like that if the economics are there to
17 displace diesel in that capacity, and let's say that the load
18 doubles, and, you know, okay, now you're 1 megawatt unit is --
19 goes from meeting 76 percent of the villages down to
20 60 percent and it -- you know, it's going to be a case-by-case
21 analysis. And, again, the modular design can scale to that
22 incrementally in the future, but I think, you know, from where
23 we're at today it's pretty.....

24 MR. EARLE AUSMAN: There's another option we
25 have of this and it's not readily apparent because we don't

1 think of power systems in this regard, but these things are
2 modules.

3 So we can take out this module and put it over
4 there and put another module over here so we can actually
5 raise the power level or reduce the power level as appropriate
6 for the particular situation and use the unit someplace else.

7 And the only fly in the ointment, of course, is
8 some of the interconnections to the existing switch gear and
9 things like that which are relatively minor and the capacity
10 of the transmission line.

11 In a general sense, we're running our
12 transmission lines at a very low loading, extremely low
13 loading so they have the ability to go up. It's 20 amperes on
14 1 megawatt; that's all it is. It's a household plug-in
15 circuit like in your house and you've got a megawatt right
16 there.

17 MR. ERIC MARCHEGIANI: I don't think there's a
18 real challenge with the price coming down so far that there's
19 going to be a lot of extra usage.

20 The first thing you want to think about is, is
21 that I'd say 95 to maybe 99 percent of those communities out
22 there are getting PCE. And they're only getting PCE on, what,
23 the first 450, if I'm right, 500?

24 Okay. So if they go over the 500, they're going
25 to be paying probably 40, 50 cents a kilowatt hour. Even if

1 you can reduce the cost to get it there, I mean, the cost of
2 generating it still probably is in the 40, 50-cent range. So
3 the likelihood that somebody is going to go over that 500 mark
4 is pretty slim, I think, at least that would my gut level
5 feeling.

6 MR. INGEMAR MATHIASSEN: There is the issue of
7 the communities out there growing. I've been up there in
8 the.....

9 MR. ERIC MARCHEGANI: That's true, this growth
10 you could have that.

11 MR. INGEMAR MATHIASSEN: They do double very
12 quick.

13 MR. ERIC MARCHEGANI: But up to this point
14 we've had out-migration not in-migration.

15 MR. INGEMAR MATHIASSEN: Yeah, some villages.

16 MS. DENALI DANIELS: Jerald.

17 MR. JERALD BROWN: Is it -- I mean, when we're
18 talking about the proper size, is it fair to say that, you
19 know, if you run the test on a 1 megawatt system, that you get
20 the information that you need to produce -- to put in a
21 5-megawatt system as well, and that the only reason you're
22 looking at the 1 is it's easier?

23 MR. JOEL GROVES: Yeah, in general, yes. If you
24 wanted to step up to a 5-megawatt system, you're going to have
25 some additional R & D work. It might be as simple as, okay,

1 you stich together, what would that be, ten of these little --
2 you know, 10 of these modules and you get it -- 10 of the
3 500-kilowatt modules.

4 At that point, you might get into a position
5 where it's going to be more cost effective to redesign that
6 system into five 1 megawatt units or, you know, two 2 and a
7 half megawatt units or something like that.

8 But in terms of the fundamental technology,
9 yeah, it's there, it's proven. You're just going to have to
10 add additional R & D costs to optimize for the 1 meg -- or for
11 the 5 megawatt installation.

12 MR. MIKE WRIGHT: I guess my thought is that
13 from sizing-wise -- and, of course, I'm here from Fairbanks,
14 so this isn't as big of an issue to us, but you want your
15 project to be a success.

16 And what's going to make it successful is you're
17 going to have to have a generation source, that the generation
18 source reduction in cost-to-power, plus the cost of running
19 the transmission line to these smaller village results in a
20 lower cost of power, including the capital that they're still
21 going to have to keep in the fuel for backup generation,
22 because if you have an outage, you have an outage and they're
23 going to have to run their backup generation.

24 So you may as well -- I mean, this is just my
25 input, is I'd go with this 1 megawatt size, find an

1 appropriate place to test it. You test it for reliability of
2 your inverters, reliability of your installation, and you just
3 make your project work. And then you find where that's going
4 to provide the savings, because it may be a 1 megawatt won't
5 work somewhere because the line is so long, you've got the
6 cost of -- it's going to cost just as much as the fuel they
7 brought out there and did their local generation.

8 So I would say going with the 1 megawatt that
9 you pick, or even 500 kW looks like it picks up 60 percent,
10 but you want to pick one where you think you could be
11 successful, and that's just what I would float out there.

12 MS. DENALI DANIELS: Any other input on the
13 sizing issue before we move on? Do you feel like you've
14 gotten enough.

15 MR. JOEL GROVES: Yeah. And I think we're
16 starting to get short on time, so we'll move forward.

17 MS. DENALI DANIELS: Good discussion.

18 MR. JOEL GROVES: Yeah. This is some stuff that
19 we've -- this is some of the design parameters we put together
20 for it as part of the Phase I work, and I guess we'll just run
21 through it really quick.

22 We're looking at an NESC Class B with one inch
23 of radial ice, and that was based on a bunch of information
24 that we did glean in Phase I from the utilities.

25 And Golden Valley was -- we actually talked to

1 Steve Hagenson (ph) from Golden Valley -- and got one inch of
2 hoar frost, which was something, or one inch of radial ice
3 equivalent has hoar frost, 120 mile per hour design winds at a
4 70-foot height.

5 And then in terms of the ground clearance, we're
6 looking at the NESC ground clearance for 69 kilovolt AC in
7 rural districts, which I think is about 16 feet or so at
8 maximum SAG conditions.

9 Soils, like I mentioned, the salt-rich,
10 water-saturated, the marginal permafrost conditions are the
11 most technically challenging, in our view, 1 megawatt
12 electrical throughput and 50 kilovolt DC.

13 And then in terms of some of the other design
14 parameters, I think we've already touched over a lot of these,
15 but I'll just hit them really -- again really quickly.

16 Modular design, we want to make sure these
17 things are very easy to return and maintain when they do fail.
18 Redundance, so to the extent possible, when they do have a
19 component failure, they can continue to limp along in some
20 capacity.

21 We want these to be small and light so you can
22 get -- get them -- you know, you get an air cargo like a
23 Sherpa or something like that out to the rural villages, fully
24 automatic, self-diagnosing.

25 And then in terms of the actual electrical

1 performance, we want them to be able to deal with unbalanced
2 phases on the input and the output size, bad power factor, all
3 the rest; that's very common in the villages. And the
4 technology that's been developed so far in Phase I is
5 conducive to all of the above.

6 This is another thing that as we start to
7 develop some of the specifications with Princeton for the
8 Phase I converter, I think we'll want to bring some of that
9 forward to the SAG, you know, through ACEP and the Denali
10 Commission to get formal feedback on that to make sure that a
11 lot -- a lot of these issues are -- you know, to the extent
12 that the SAG can weigh in on those are appropriate.

13 MS. DENALI DANIELS: When do you think that
14 might occur?

15 MR. JOEL GROVES: This will occur -- thinking
16 through Princeton's schedule, I think in the next two months
17 we'll start to see some of the specification documents coming
18 out of Princeton.

19 And then on the first item, the sizing issue, I
20 don't know, I mean, do we even -- maybe we don't even really
21 to need to come out with a white paper and go through a
22 written review of that. We can just call that resolved at
23 this meeting. I don't know if there's any.....

24 MS. DENALI DANIELS: I didn't hear any folks in
25 opposition to the one -- there's no need to process.....

1 MR. JOEL GROVES: Yeah, I mean, it's just a
2 paperwork that no one really wants to deal with, so.....

3 MS. DENALI DANIELS: I do the design parameters,
4 that could be a real important and critical piece to get
5 feedback from folks on. And so we'll have to rely on
6 technology to get the information out, and hopefully folks
7 aren't busy fishing this summer when we have requests for your
8 feedback. Is there anything else on the design parameters?

9 MR. JOEL GROVES: I don't believe so, no.

10 And then so on the code issues, I think I
11 already -- the two major code issues that we've identified,
12 you know, using the single wire earth return circuits and
13 shallow burial for overland cables.

14 Already in this meeting we've identified some
15 homework that we have to do or that we should do.

16 And then as we go forward, there may be other
17 opportunities or, you know, issues in the code that may
18 warrant some review. We'll bring those to the SAG as they
19 come up.

20 And, then again, the key thing that we'll
21 articulate in this white paper is how do we develop a plan to
22 achieve those code modifications and the industry support that
23 we need to make those happen, and we'll articulate that going
24 forward. So I don't -- and I think that is, yeah, all on that
25 one. So this one is going to be a little bit farther out.

1 MS. DENALI DANIELS: If there's no objection,
2 I'd like to maybe use the balance of our time to talk about
3 that process, because I do think it could be a long process
4 and we want to make sure that it's well thought out so folks
5 are comfortable, you know, proceeding with a particular
6 position.

7 I guess I would maybe go back, Joel, to the
8 original reasons why these codes are the way they are today.
9 And I guess I'm wondering do we feel like -- do we still have
10 folks on line?

11 MR. JOEL GROVES: Tom, are you still there?

12 MR. TOM LOVAS: Yeah, I'm still here. There was
13 a little break for a little bit.

14 MS. DENALI DANIELS: Did we lose.....

15 MR. ERIC MARCHEGIANI: How about this gentleman
16 from MEA?

17 MR. PRIZIKAM MINGARAJ: Yeah, I am able to hear.

18 MS. DENALI DANIELS: Okay. Well, moving on, I
19 guess I would like to pose the question to not only Joel but
20 also to the group, the reasons that the codes exist. Do we
21 feel like we have adequate argument for making code changes at
22 this point in time or is there some type of data collection or
23 research just specifically on those issues that may need to
24 take place? And then I'd like to have a discussion about what
25 is the process for code change.

1 MR. ERIC MARCHEGIANI: Could I jump in? There's
2 two things that I would like to consider. One is, is that the
3 goal here is to get something out in the field as soon as we
4 can. I think time is going by us way too fast. And, you
5 know, the price of oil, I heard somebody say Crowley jacked
6 the price of gasoline by 3 bucks a gallon today. So I don't
7 know if that's really true, but the rural communities are
8 going to really go out of existence if we're not able to
9 implement something soon, a number of them, not all of them,
10 obviously.

11 So the first thing I would take off the board is
12 burying cable. You know, I'm not -- I'm not against burying
13 cable, but my experience when I worked for AVEC -- and Brent
14 can talk about it -- they basically removed any buried cable
15 they have in their entire system throughout the 53 villages
16 with the exception around airports where they've had to deal
17 with the fracturing and the fighting of the permafrost and
18 whatnot.

19 And I fully understand that's, you know, maybe
20 something we want to do down the line, but that's one more
21 thing that kind of delays us as far as getting down to where
22 we want to get to put something in the field and have it
23 operational. So I would take that off the table; that would
24 be my first concern and just look at above ground. Let's
25 string the wire, let's do what we need to do to make that

1 happen.

2 The second thing is, is that the single wire
3 ground was looked at between, was that Napakiak and Bethel
4 back 20, 30 years ago with Alaska Energy Authority. And we
5 got, I think, some type of waiver or exemption.....

6 MR. BRENT PETRIE: Ten years.

7 MR. ERIC MARCHEGIANI: Ten years? Okay. We're
8 a small part of the United States, and the rest of the folks
9 as far as code goes, they don't really give a rip about us up
10 here, to be very frank.

11 Now, we might be able to get some type of waiver
12 or some type of leap, and I don't say that we should not try
13 or not explore it a little bit, but I don't think we want to
14 spend a lot of time. Again, I think we have these rural
15 communities that are really at risk.

16 And so at the risk of spending additional money
17 to string an extra wire or to basically provide that ground,
18 I'm thinking that maybe we should kind of move on but still
19 kind of still do some research or try to do some backstopping
20 on that issue. That's just my opinion.

21 MR. EARLE AUSMAN: Good.

22 MS. DENALI DANIELS: Yes, in the back.

23 MR. AL NAGEL: Just a short comment on -- a
24 comment on trying to reach back. We're a small part of the
25 United States, that's true, except that the code is adopted

1 here. It's written and it's distributed on a national basis,
2 but the state adopts it in state, so any amendment to that
3 code would happen here.

4 Now, one of the things -- if I -- while I'm
5 standing, one of the things that I'd be interested in hearing
6 is I hear, you know, we want to explore the code in
7 Scandinavia, the code in Australia, but I have to tell from a
8 code enforcement standpoint, I would really like to hear what
9 the code writers in the U.S. have to say and what IEEE says.
10 Now, again, they're not driver on how we adopt it, but I think
11 their input is important.

12 MS. DENALI DANIELS: Brent?

13 MR. BRENT PETRIE: Maybe a question on the
14 adoption process, how does that happen?

15 MR. AL NAGEL: Well, it doesn't happen
16 overnight, but it's not terribly long. Basically, in this
17 case -- and Earle came to me the last time we adopted the
18 current version of the code, and he made a proposal that we
19 amend the state code. And, quite honestly, we didn't feel
20 comfortable doing it at that point for lack of knowledge on
21 our part and a real grasp of the technology.

22 So in this case, the commission or Polar or
23 whomever would come to the Department of Labor, propose the
24 code change, why -- give the rationale as to why it's a good
25 idea. We're -- naturally, our main concern is public safety.

1 So present a case that the technology is safe and no less safe
2 than what the code is written and distributed by IEEE is.

3 Earle, give me half a minute.

4 MR. EARLE AUSMAN: Oh, of course.

5 MR. AL NAGEL: At that point, we would go
6 through and we would draft an amended code, a local amendment
7 to the code and present that to the public for 30 days; we'll
8 put it out for public comment. We do that both in writing and
9 we present time for public testimony, if that's appropriate.
10 If it's going to generate the kind of interest and public
11 input that we feel a public hearing is necessary, we would
12 hold a public hearing.

13 We throw it to the department of law for a legal
14 so they can legalize it. Assuming we flow through all those
15 things, and we're looking at a year process probably, it then
16 goes to the lieutenant governor for signature.

17 We amend codes in the state by regulation; so it
18 doesn't take legislative action, it takes public input.

19 MR. EARLE AUSMAN: Al has been very helpful in
20 this whole matter and he said, you know, we could always go
21 with the waiver and then he would certainly entertain that,
22 and he's been helpful in that regard.

23 And but at the same time -- and Brett can speak
24 more thoroughly about this -- AVEC has been concerned about
25 financing things because what if you couldn't get a waiver?

1 What you were going to build something someplace and all of a
2 sudden, somebody decided that weren't going to give a waiver,
3 and then introduce an uncertainty.

4 And so we were presented with a situation where
5 they were telling us we had to have a positive -- absolute
6 positive answer, and he says, well, he's not ready to give it
7 right now. So if we were sure that we could go ahead, that
8 might satisfy, of course, AVEC and then other people who are
9 also concerned about using this technology and all of a sudden
10 find out that they spent all this money and nothing happens,
11 they can't use it.

12 MS. DENALI DANIELS: Sure. I'm going to
13 actually respond to that and then I think both of you have
14 something to say, and we're almost out of time.

15 I think it goes back to my question about
16 addressing the reasons that the code exists. And I think my
17 questions are the same; you know, how do we know that the
18 public safety issues, you know, have been addressed or, you
19 know, there's an argument that can be made that they're not an
20 issue in the cases that we're proposing.

21 And I can tell you that from the commission's
22 standpoint, I don't personally have a comfort level either to,
23 you know, request that my boss go to the department of -- you
24 know, and make that request either if it's in conjunction with
25 our funding.

1 So I think that's the next step. I'm not really
2 sure what the process would be to do that, but I think we need
3 to put that on our priority list to articulate that a little
4 bit clearer. Brent, and then back to Al.

5 MR. BRENT PETRIE: And as you look at possible
6 applications or demonstration sites, I would encourage you to
7 look at, you know, a bipolar system. It does meet some of the
8 criteria, it removes a number of uncertainties.

9 It removes the uncertainty over needing code
10 waivers or code amendments or a single wire earth return. It
11 is an accepted technological method of moving direct current
12 power, and, therefore, it's also a financeable -- likely a
13 financeable type of alternative.

14 What we would be working with here would be the
15 smaller size inverters, and it would be, perhaps, a maybe some
16 expedited way to test that smaller size inverter.

17 We would be removing some other uncertainties in
18 the process, just a suggestion. There may be cases out there
19 that you could find where that kind of application might be
20 appropriate, and maybe we could get -- we could move forward
21 with that type of pilot project.

22 MS. DENALI DANIELS: Back to Al.

23 MR. AL NAGEL: Just very briefly. In your
24 controlled circumstance, we're going to look upon a variance
25 for that set of circumstances much more favorably than if you

1 come to us and say, yeah, we want to run out of Bethel and go
2 to these 15 villages. So just a comment in that regard.

3 MS. DENALI DANIELS: Can I ask a question just
4 by way of process? If the Stakeholder Advisory Group were in
5 agreement on the language maybe that were forwarded to the
6 department, would that be something that maybe would add
7 more.....

8 MR. AL NAGEL: Absolutely it would. Anything
9 that you can give me at the end of the day that shows it meets
10 the aim of -- and, again, being in a controlled circumstance,
11 that adds a lot, because once we have success in that arena,
12 our comfort level gets better just like anything else.

13 MS. DENALI DANIELS: So this group will meet
14 again in December 2010. At that point, if we have something a
15 little bit more refined, in terms of a timeline, we would be
16 looking about a 12-month process from that point forward.

17 MR. AL NAGEL: To do a code amendment, a
18 variance, depending on the amount of information that comes
19 with the request itself, I generally tell you that it takes me
20 about ten days.

21 MS. DENALI DANIELS: And that would be in
22 conjunction with a specific project?

23 MR. AL NAGEL: Yes, ma'am.

24 MS. DENALI DANIELS: Got it, okay.

25 MR. MIKE WRIGHT: I would tend to agree. Why

1 muddy the waters with the single wire earth ground? At the
2 same time, improve up the inverter technology, do the
3 two-pole. You can get the project rolling right away.

4 At the same time, then you could be applying for
5 the process to get a -- instead of a variance, a permanent
6 change to the code if that proves applicable.

7 And seeing as that this will probably take
8 funding of a grant nature, it still should be savings over,
9 according to this report, of doing the three-phase
10 transmission and that -- then you would -- you could just move
11 right on forward with the project somewhere, get it put in
12 place, prove the technology, and then hopefully get the lesser
13 cost of a single wire earth ground in the future.

14 MS. DENALI DANIELS: Okay. Jerald.

15 MR. JERALD BROWN: I just want to follow up on
16 that. Is there anything with the single wire earth return
17 that we need to study on this phase of it that's really
18 important or is it the scaled-down -- the 1 megawatt versus
19 the thousand megawatt system? Is that what's most important.

20 MR. JOEL GROVES: Well, we're only looking at
21 the 1 megawatt. The thousand megawatt is, you know, existing
22 stuff out in the lower 48 or the rest of the world. So up
23 here, we're really looking at the 1 megawatt.

24 And that is the key question is, is there
25 anything we need to do in Phase II, the work we're doing right

1 now, to add data to the question of doing we want to do a code
2 change or a local -- a State of Alaska code amendment? You
3 know, and that's something that I think we're going to need
4 to -- we have some homework to do so we can bring it forward
5 to the SAG. You know, here are the questions that we think
6 need to be answered. Are they the right questions, and here's
7 how we're going to go about answering them. And I don't have
8 that for you today.

9 MR. TOM LOVAS: This is Tom. I've got a
10 question. Aren't there any waivers or any actions or
11 administrative actions that need to be taken in order to allow
12 a demonstration of the single wire return -- earth return?

13 MR. JOEL GROVES: Yes, there are.

14 MR. TOM LOVAS: Okay. I think there's a
15 correlation there in what's granted for that to where it would
16 go into the future as well.

17 MR. JOEL GROVES: Yeah, and Al Nagel with the
18 Department of Labor did speak to that a little bit.

19 MR. MIKE WRIGHT: The National Electric Safety
20 Code -- I would not do anything outside the lines of the
21 National Electric Safety Code because your risk is way up
22 there, and if you could go down the route of proving this out
23 within the code but at the same time changing it, you -- I
24 mean, just from a risk averse position, that would be the path
25 I would take.

1 MR. DANIEL GREINER: I just have one comment.
2 You had asked a couple of times about what was the reason
3 behind the code. And from my perspective, the code --
4 everything that's in that code is related to safety. And the
5 resultant language is from actual situations that have
6 occurred in the past.

7 So and then to address the bipolar construction,
8 I realize that the modularity of the converter or the inverter
9 is a big attraction for dependability, but if you're using a
10 single wire over immense distances like we have in Alaska, I
11 would be concerned with if that's the one weak point in the
12 system, if that line breaks, it doesn't matter whether you can
13 use half of your DC power conversion process or not, you're
14 not going to have any power.

15 And having lived in Alaska all my life, like
16 most of these people here, we all know what Mother Nature can
17 do out in the middle of nowhere.

18 When I lived in Juneau, we had three
19 transmission columns go out. And before they could get
20 repaired, we were paying instead of 150 a month, 750 a month
21 for our electricity, so.....

22 MR. JOEL GROVES: And, of course, that's
23 true.....

24 MR. DANIEL GREINER: It's a consideration for
25 the bipolar system.

1 MR. JOEL GROVES: Yeah. And, of course, that's
2 true of any transmission system you put in out there.

3 MR. DANIEL GREINER: But if you're down to
4 one -- if you have two, then you can use one. If one breaks,
5 you still have the other one.

6 MR. JOEL GROVES: That's true.

7 MR. DANIEL GREINER: If you have one line and it
8 breaks, you're done until that thing gets fixed.

9 MR. JOEL GROVES: Yeah, that's true. And
10 that's -- you know, that's something with the bipolar system,
11 you know, depending on the design or the reliability of that
12 line, you may actually even move into two separate monopolar,
13 you know, single wire things because, you know, they're not
14 two wires on one pole; you lose the pole, you lose the whole
15 system anyways. And that's going to be a project-specific
16 analysis.

17 MS. DENALI DANIELS: Thank you. Go ahead.

18 MR. EARLE AUSMAN: We can give -- we'll provide
19 illustrations of very large systems that utilize single wire
20 ground return either part-time or sometimes full-time. So
21 it's not -- it's not at all unusual in among the big power
22 transmission.

23 It isn't a safety problem. It doesn't -- it's
24 not a safety problem. We wouldn't do anything that was
25 unsafe. That's why they allow it to operate on emergency

1 conditions.

2 For example, we've got a 3,000 megawatt line
3 that's hauling power to southern California, and they've got
4 an inverter down on one side. And so they can go on to
5 monopolar and have been running on monopolar for a long time.

6 And they have designed their returns -- their
7 return grounding systems in such a way one is in the ocean and
8 the other is on a hillside near the Columbia River, and
9 they've designed their grounding system so they can do that.

10 And the National Electric Safety Code allows
11 that to be done under emergency conditions. They don't want
12 it as a general case because you're going to cause corrosion
13 of pipelines, railroad tracks, and other things like that.
14 It's mainly an economic problem; it's not a safety problem.
15 We're talking about an economic problem in the South 48; it's a
16 different set of circumstances, and over all the world, for
17 that matter.

18 MR. DANIEL GREINER: So there's no safety
19 concerns with it?

20 MR. EARLE AUSMAN: Pardon?

21 MR. DANIEL GREINER: There's no safety concerns?

22 MR. EARLE AUSMAN: No. No, in fact, there's an
23 unbalance in the DC systems. Even the bipolar and the
24 unbalance is in the order of a number of megawatts. So
25 there's a lot of amps flowing into the ground system that are

1 going all the time into that ground system on the DC intertie
2 that runs the Celio and Sylmar and long distance all the way
3 through California and all the way from Washington. So there
4 say huge imbalance on that system.

5 MS. DENALI DANIELS: Now we're going to wrap
6 things up.

7 MR. INGEMAR MATHIASSEN: If you have -- if you
8 compare the two systems in just looking at just the
9 effectiveness, which one is more effective in losses, one wire
10 in ground or two?

11 MR. EARLE AUSMAN: It doesn't really make any
12 difference. The advantage of a two-pole system is you can
13 keep the voltage lower, you can cut the voltage in half.

14 If you go with a single-pole system, you have to
15 increase the voltage by two if you're carrying the same number
16 of amperes and using the same conductor system.

17 So on big systems, it's bipolar because --
18 because -- and why we looked at it for Snettisham, for example,
19 why we wanted to put it into Snettisham was because it got -- it
20 brought us reliability; we could increase the reliability
21 significantly over any other system.

22 Essentially we were building two parallel lines
23 that weren't in the same place, and that was a huge advantage
24 to that. Unfortunately, it wasn't built -- or unfortunately
25 for southeastern it wasn't built, and for the rest of really

1 in the long run.

2 MS. DENALI DANIELS: Thank you, Earle. We want
3 to thank Joel and Earle for all of their work on pulling
4 things together for today's meeting. I also want to thank
5 Jason and other folks from ACEP that have been working really
6 hard on the Emerging Technologies Program in general.

7 We are ten minutes after, and I think we did
8 start about ten minutes late. So I am going to recommend that
9 next meeting we schedule two hours just so -- it sounds like,
10 you know, there's a real desire and appetite for ongoing
11 discussion, and I feel like we've gotten a little bit cut
12 short.

13 It sounds like, just back to this code issue,
14 that there are a lot of maybe case studies that could be
15 dusted off and pulled together in some kind executive
16 document, and we will have that as a chief agenda item at the
17 meeting in December and have this group weigh in on comfort
18 level at that time.

19 And I would say from the Commission's
20 perspective, we will look largely to the advice of this group
21 to give us guidance as a federal agency on whether or not to
22 proceed with our partners at the state on some recommendations
23 or whether we're going to hold off if we're not ready. That's
24 really how we're going to handle things.

25 So in the meantime, everyone have a wonderful

1 summer, and I'm sure we'll be seeing all of you at some point
2 back at the conference and other places.

3 But please be watching your email for updates,
4 and we'll try and give you a good, you know, two-week window
5 to review things to accommodate fishing schedules and the
6 like.

7 And, again, it sound like there's a lot of
8 interest around this technology. It could revolutionize rural
9 Alaska, and we really appreciate all of your participation on
10 this group. So thanks again. And with that, we're adjourned.

11 (Off record)

12

13

* * * *

14

15

16

17

18

19

20

21

22

23

24

25

TRANSCRIBER'S CERTIFICATE

I, Lynn DiPaolo, hereby certify that the foregoing pages numbered 2 through 72 are a true, accurate, and complete transcript of proceedings of Stakeholder's Advisory Group First Meeting, April 27, 2010, transcribed by me from a copy of the electronic sound recording to the best of my knowledge and ability.

May 26, 2010
May 26, 2010

Lynn DiPaolo
Lynn DiPaolo, Transcriber